

SOAH DOCKET NO. 582-15-2082

TCEQ DOCKET NO. 2015-0069-MSW

APPLICATION OF 130	)	STATE OFFICE OF
ENVIRONMENTAL PARK, LLC,	)	
FOR PROPOSED PERMIT	)	
NO. 2383	)	ADMINISTRATIVE HEARINGS

ORAL VIDEOTAPED UNSWORN INTERVIEW OF  
WILLIAM FEATHERGAIL WILSON

June 22, 2016

ORAL VIDEOTAPED UNSWORN INTERVIEW OF WILLIAM FEATHERGAIL WILSON, produced at the instance of the Protestants, was taken in the above-styled and numbered cause on June 22, 2016, from 10:42 a.m. to 12:42 p.m., before Lou Ray, Certified Shorthand Reporter in and for the State of Texas, reported by computerized stenotype machine at the Bandera Public Library, 515 Main Street, Bandera, Texas 78003.

## APPEARANCES

## FOR THE PROTESTANTS:

Ms. Marisa Perales  
FREDERICK, PERALES, ALLMON & ROCKWELL, PC  
707 Rio Grande, Suite 200  
Austin, Texas 78701  
Telephone: 512.469.6000 - Fax: 512.482.9346  
email: marisa@lf-lawfirm.com

## FOR 130 PARK ENVIRONMENTAL PARK, LLC:

Mr. Brent W. Ryan  
McELROY, SULLIVAN, MILLER, WEBER & OLMSTEAD, LLP  
1201 Spyglass Drive, Suite 200  
Austin, Texas 78746  
Telephone: 512.327.8111 - Fax: 512.327.6566  
email: bryan@msmtx.com

## FOR PLUM CREEK CONSERVATION DISTRICT:

Mr. Robert Wilson  
JACKSON, SJOBERG, MCCARTHY & TOWNSEND, L.L.P.  
711 West Seventh Street  
Austin, Texas 78701  
Telephone: 512.225.5595 - Fax: 512.225.5565  
email: bwilson@jacksonsjoberg.com

## ALSO PRESENT:

Mr. Chuck Floyd, Videographer  
Mr. Mike Rubinov  
Mr. Dennis Hobbs

## TABLE OF CONTENTS

	PAGE
APPEARANCES .....	2
WILLIAM FEATHERGAIL WILSON	
Interview by Ms. Perales .....	4
REPORTER'S CERTIFICATE .....	71

## EXHIBITS

NO.	DESCRIPTION	MARKED
1.	NRCS, Department of Agriculture Coring Test at Dam Location	33
2.	Surface Geologic Map of Reservoir	41
3.	Goliad 3-King geophysical log	50
4.	Goliad 4-King geophysical log	52
5.	Goliad King No. 1 geophysical log	54

1 P R O C E E D I N G S

2 WEDNESDAY, JUNE 22, 2016

3 (10:42 a.m.)

4 THE VIDEOGRAPHER: Today's date is  
5 June 22nd, 2016. This begins the testimony of William  
6 Feathergail Wilson. We're on the record. Time is 10:42  
7 a.m.

8 WILLIAM FEATHERGAIL WILSON

9 QUESTIONS BY MS. PERALES

10 Q Good morning, Mr. Wilson. Let me start by  
11 introducing myself. For the record, my name is Marisa  
12 Perales, and I'm an attorney representing a number of  
13 individuals and groups of individuals and parties who  
14 are protesting a proposed landfill by 130 Environmental  
15 Park. And I'm here today to ask you some questions and  
16 have your answers transcribed in response to my  
17 questions. Is that clear to you?

18 A I understand.

19 Q Okay. Can you introduce yourself and spell  
20 your name for the record?

21 A My name is William Feathergail Wilson. It's  
22 William, of course. I'm sure you can spell that.  
23 Feathergail is G-A-I-L rather than G-A-L-E. It's all  
24 one word. And Wilson is an easy one to scribe.

25 Q Right.



1           A       So, you know, I'm -- what else do you want to  
2 know.

3           Q       That sounds good.

4                   MR. ROBERT WILSON: Before we get started,  
5 let me just state on the record -- on the transcript --

6                   MS. PERALES: Sure.

7                   MR. ROBERT WILSON: -- what I've done is  
8 I've -- because of some -- the filing of a motion to  
9 quash and I've asked Feather -- he's here for Plum Creek  
10 Conservation District, but I've asked him not to be  
11 sworn. And this basically is an interview of him where  
12 you get to ask any questions you care to ask about the  
13 application. I presume they're all about the  
14 application. I don't know what else you'd ask. And  
15 then you can -- you're free to record your questions and  
16 his answers, but it's unsworn.

17                  MS. PERALES: Right. Sounds good.

18           Q       (BY MS. PERALES) So, let's see. Are you aware  
19 that -- that I have prepared and served a notice of  
20 deposition for you for today?

21           A       Yes.

22           Q       Okay. And we are in Bandera. Is that correct?

23           A       Yes.

24           Q       And this is the -- if not the town, then the  
25 area of your residence. Is that right?

1           A       That's correct.

2           Q       Okay. And so do you -- you live nearby?

3           A       I live in the county.

4           Q       Okay. And so this is a convenient location for  
5 you?

6           A       Yes, it is.

7           Q       And the purpose of this interview -- we'll call  
8 it an interview today -- or the reason that we're here  
9 today is because I'd like to talk to you and ask you a  
10 few questions related to the proposed 130 Environmental  
11 Park Landfill in Caldwell County. So I'd like to begin  
12 by asking you what exactly your role is with the Plum  
13 Creek Conservation District.

14          A       I'm a consultant to them for groundwater and  
15 surface water.

16          Q       Groundwater and surface water?

17          A       Yes.

18          Q       And what is Plum Creek Conservation District?

19          A       They're -- they're a WCID and a groundwater  
20 district.

21          Q       And WCID is --

22          A       Water control improvement district.

23                   Is that right, Bob?

24                   There's only five of them, I think, in the  
25 state, something like that.

1 MR. ROBERT WILSON: I'm not being deposed.

2 MS. PERALES: Right.

3 MR. RYAN: Nobody is, so I guess you can  
4 chime in.

5 BOB: I guess I can.

6 (Laughter)

7 Q (BY MS. PERALES) How long have you been  
8 employed as a consultant by --

9 A 10 years.

10 Q And have you been in the same role those entire  
11 ten years?

12 A Yes.

13 Q So a consultant on groundwater and surface  
14 water for 10 years to PCCD?

15 A Yes.

16 Q Tell me a little bit about your -- your  
17 qualifications that led you to this position. Let's  
18 start with your education.

19 A I have three degrees from The University of  
20 Texas at Austin; two in geology, bachelor's of science,  
21 master's degree. I have another degree in creative  
22 writing and -- that helped me a lot in my career.

23 I have 56 years of geological experience  
24 in 54 countries or more -- actually, more countries than  
25 that because I recently came back from South America



1 about a year ago. I was working -- let's see --  
2 Bolivia, you add that one -- Paraguay, Uruguay, Brazil  
3 and Columbia. I don't know how many that is, plus 54.  
4 I once counted this up and -- but lately I haven't  
5 counted it up. So I'm not sure -- maybe 60 countries.  
6 And I've actually drilled wells in 60 countries. So --  
7 and I was the vice president of a major, independently  
8 owned oil company. We had -- we worked all over the  
9 world. I've worked for Pemex also in Mexico.

10 Q How long were you in Mexico?

11 A Two years.

12 Q And when was that?

13 A '61 to 63 -- or '60, something like that.

14 Q So are you a professional geologist?

15 A Yes, I am.

16 Q And how long have you been a registered  
17 professional geologist?

18 A Since the initiation. In fact, I have a -- I'm  
19 No. 1 -- or No. 21, which is the first registration in  
20 Texas other than board members. Because I'm a Democrat  
21 or independent, and George Bush was in power then, even  
22 though I was offered to be a board member, when I went  
23 to interview, they asked me what my politics was and I  
24 said, you know, not Republican, and that was the end of  
25 that.



1 (Laughter)

2 A So I've never been a board member. But I  
3 did -- I was instrumental in actually creating  
4 professional geologists of Texas and -- you know, so  
5 I've been there for the initiation and before.

6 Q (BY MS. PERALES) You were instrumental in  
7 creating the Board of Professional --

8 A Yes.

9 Q -- Geoscientists?

10 A Uh-huh.

11 Q So what was your role in that?

12 A Oh, just a -- you know, an advisor, consultant,  
13 an interested party. But 21 is the first number beyond  
14 the board members. So -- and there are about, what,  
15 8,000 today or something like that. I'm not sure.

16 Q Did you have a role in drafting or providing  
17 input into the rules that govern professional  
18 geoscientists?

19 A To some degree.

20 Q To what degree?

21 A Well, ethics, for one, and requirements;  
22 educational requirements, continuing education  
23 requirements and past education requirements.

24 Q Did you help draft those requirements regarding  
25 ethics and continuing education?

1           A     No, this was just the result of informal  
2 meetings.

3           Q     I see. So you provided information to the  
4 drafters of the rules and the ethics requirements?

5           A     Yes. I'd add exams, too. We require exams.

6           Q     So -- okay. So you were at Pemex for two  
7 years, and then I wrote down that you were the vice  
8 president of an independently owned --

9           A     No, I was with Texaco at the time.

10          Q     Okay. So, well, tell me, after Pemex where  
11 were you or what did you do?

12          A     I worked for -- worked for Texaco for five or  
13 six years, then went to Midland and worked for El Paso  
14 and then became an independent consultant. I then came  
15 back to San Antonio and I worked with Tesoro and Placid,  
16 and then finally Exxon. But not in San Antonio, in  
17 Dallas and Houston.

18          Q     Other than your role with PCCD, are you  
19 currently employed as a geologist or a professional  
20 geoscientist?

21          A     As a consultant, yes.

22          Q     As a consultant? Okay. So you are currently  
23 consulting for other entities?

24          A     Oh, yes.

25          Q     And are you -- so you're an independent

1 consultant?

2 A Yes.

3 Q Okay. Are you consulting for any other public  
4 entities? And by that I mean like local governments,  
5 like Plum Creek Conservation District?

6 A I've done some pro bono work for the -- this  
7 groundwater district and others. But mostly I'm  
8 employed by -- yes, I guess the Nature Conservancy. I  
9 don't know what you would call that, but I just finished  
10 a job for them.

11 MR. ROBERT WILSON: Feather, I'm going to  
12 jump in. Why don't you identify if you serve on any  
13 boards or commissions related to water.

14 A Well, I've been working on a lot of Class 2  
15 injection wells lately. I worked on a -- I don't know,  
16 hundreds of them across Texas and Wyoming, New Mexico.  
17 And I have testified to the Railroad Commission for  
18 hearings and -- with regard to that. I'm still doing  
19 quite a bit of work on injection wells. You know what a  
20 Class 2 injection well is? Okay.

21 Q So why don't you explain it for the record?

22 A A class 2 injection well is a well that is an  
23 oil and gas waste well for produced water and fracked  
24 water. I have worked all over Texas, particularly West  
25 Texas and South Texas, and I'm still engaged in doing



1 some of that consulting work.

2 Q Okay.

3 MR. ROBERT WILSON: The specific question  
4 I had in mind was your relevant regional planning group.  
5 Do you serve on that?

6 A Oh, yes. I'm a board member of Region J  
7 Planning Group, which is one of 16 planning groups for  
8 groundwater in Texas. I'm a board member. I've been a  
9 board member seven -- eight years, something like that.

10 Q (BY MS. PERALES) And so as a board member for  
11 the Region J Planning Group, are you providing input or  
12 helping create a regional water plan?

13 A Of course. Yes.

14 Q That is then incorporated into the statewide  
15 plan?

16 A Well, I'm the only geologist on the board.

17 Q Okay.

18 A So not only do I advise them geologically, I,  
19 you know, also work with the consultant who's -- which  
20 is LBG Guyton --

21 Q Uh-huh.

22 A -- as sort of the advisor and translator from  
23 LBG Guyton to the board members.

24 Q Are you a member of any other boards or  
25 commissions?



1           A     No. I'm a member of -- a number of geological  
2 societies and scientific societies.

3           Q     Okay. So as a professional geoscientist, do  
4 you have to take any education courses?

5           A     Of course.

6           Q     How many hours do you --

7           A     16.

8           Q     Ever year?

9           A     Every year.

10          Q     And what kind of consulting work do you do for  
11 PCCD? And I understand that you advise as to  
12 groundwater and surface water, but can you give us some  
13 general examples or descriptions of the types of issues  
14 that arise that you address?

15          A     I make monthly presentations of geological  
16 studies that I've done and continue to do on all types  
17 of really most groundwater, oil and gas, just anything  
18 that actually occurs to me, and anything I'm asked to  
19 do, which I am asked to do several things from time to  
20 time for permits. I'm on a retainer.

21          Q     Okay. So you provided some geological studies  
22 or information related to geological studies to the  
23 PCCD board?

24          A     Yes, I do.

25          Q     And that's in the area of -- well, you tell me.

1 What area of --

2 A Primarily groundwater.

3 Q Okay.

4 A Next month, however, it's going to be on  
5 surface water and the dams -- 28 dams, the geology of  
6 the dams and what they're constructed -- how they're  
7 constructed and which formations they're constructed  
8 over. And we have 28 dams, and we have some issues with  
9 some of them.

10 What else do you want me to say about  
11 them?

12 MR. ROBERT WILSON: I'm not asking the  
13 questions right now.

14 A I mean, it's all related to geology.

15 Q (BY MS. PERALES) So the 28 dams -- you  
16 mentioned the 28 dams. Those are in the control or --  
17 or PCCD is otherwise responsible for those dams?

18 A Yes, they are. I'm not sure exact -- Bob can  
19 address that better than I can. But we -- this is for  
20 my own -- for my own learning. We maintain the dams.  
21 The NRCS also has some control over the dams. They were  
22 built as flood control dams. There is rehabilitation on  
23 some of the dams that I've worked on going on right now  
24 as a matter of fact. You know, just a variety of things  
25 that I might be asked to consult on geologically.

1 Q So you mentioned that some of the dams are  
2 being rehabilitated right now?

3 A Yes.

4 Q How many of the dams --

5 A One is being rebuilt.

6 Q And which one is that?

7 THE WITNESS: Which one is that, Bob, 6  
8 or -- yeah, 6, Dam 6.

9 Q (BY MS. PERALES) And why is it being  
10 rehabilitated?

11 A Well, they're very -- some of the ADD  
12 (phonetic) dams are very old and they -- they really  
13 need, actually, to be rebuilt. But many of them -- most  
14 of them are in good shape. But there are, how many,  
15 Bob, six -- five or six that are scheduled to be fixed.  
16 And that's a -- that's a lot of money.

17 Q So who -- who is responsible for rehabilitating  
18 those dams?

19 A The NRCS and PCCD.

20 Q And on Dam 6 is that who's --

21 A They're being done right now.

22 Q And that -- the NRCS and PCCD are funding the  
23 rehabilitation?

24 A Yes.

25 MR. ROBERT WILSON: And, I might add --



1 Feather would not know this -- but Soil and Water  
2 Conservation Board is also contributing to the funding  
3 of the rehabilitation of Site 6, Texas Soil and Water  
4 Conservation Board.

5 Q (BY MS. PERALES) Is Reservoir 21 -- is that --  
6 does that include one of the dams that needs to be  
7 rehabilitated?

8 A I can't remember. I don't think so, although  
9 I've done some studies on it recently, looking at the  
10 dam itself and the geology -- the substrate below the  
11 dam. And, of course, the geology below the lake, the  
12 reservoir.

13 Q Okay. Who makes the determination as to which  
14 of the dams needs to be rehabilitated and how to  
15 prioritize them?

16 A NRCS, I guess.

17 Is that right, Bob?

18 I'm not sure. We have consultants that --

19 Q (BY MS. PERALES) Uh-huh.

20 A -- that have -- NRCS has consultants and they  
21 have their own staff. And the dams are in an area of  
22 what's called high hazard area, which means that many  
23 people downstream are now -- the downstream areas are  
24 being populated more and more in this area, which --  
25 very cognizant of how competent these dams are all the



1 time. This is in the fastest growing area of Texas.

2 Q When you say "this," what are you talking  
3 about?

4 A I'm talking about this area, this 13-county  
5 area, including PCCD District, is within the confines of  
6 the fastest population increase in Texas.

7 Q And that has an impact on the dams?

8 A Sure.

9 Q And how is that?

10 A More population around the dams and below the  
11 dams.

12 Q "More population" means more people at risk?

13 A Yes, if they failed.

14 Q Does the -- does the growth also have an impact  
15 on -- on drainage --

16 A On what?

17 Q On drainage or flooding?

18 A Oh, yes. Of course.

19 Q And how so?

20 A Well, you're going to have less sediment and  
21 more runoff from pavement. That's a given. In fact, I  
22 think we've actually -- they calculated a lot more  
23 sediment being introduced from farm land and it's not  
24 happened, as I learned yesterday.

25 Q So are you familiar with the 130 Environmental

1 Park proposed landfill?

2 A To some degree.

3 Q And is it within the boundaries or the area  
4 that is covered by PCCD?

5 A Yes.

6 Q How did you first become familiar with the  
7 proposed landfill?

8 A Become familiar with it? I guess board  
9 discussions. I don't really recall. It's been three or  
10 four years.

11 Q Okay. Have you reviewed any materials as are  
12 stated with the proposed landfill?

13 A I'm sorry. What did you say?

14 Q Have you reviewed any materials, like  
15 application materials?

16 A Yes, I have.

17 Q What have you reviewed?

18 A I reviewed a first lengthy report, and I've  
19 also reviewed recently the additional -- I guess  
20 repeated coring. I don't -- never understood why it was  
21 re-cored, but I've looked at all those cores at least  
22 from the standpoint of descriptions. I have not been in  
23 the field to looked at them. I've seen pictures of  
24 them. I've seen descriptions of course.

25 Q The lengthy report, do you know if that was the

1 geology report from the application or do you recall?

2 A Yes.

3 Q It was? So as far as you recall, you've  
4 reviewed a portion at least of the landfill application?

5 A Yes.

6 Q And then you mentioned you also reviewed  
7 information related to repeated coring?

8 A Yes.

9 Q And was that information -- or do you recall  
10 whether the coring was done by the -- that you reviewed,  
11 was it done by the 130 Environmental Park applicants?

12 A Yes.

13 Q And you said you never understood why they did  
14 repeated coring.

15 A I don't know.

16 Q Okay. Do you have an opinion or --

17 A Well, there was some question as to the  
18 lithology descriptions I think, not the least of which  
19 was the overburden of the Leona gravel. And I think it  
20 was originally reported -- I may be wrong about this --  
21 that there was no Leona gravel there, despite the fact  
22 that it was mapped by the Bureau of Economic Geology and  
23 it was within the -- some of the descriptions, early  
24 descriptions I read, and especially the second coring  
25 situation -- actually, isopached, which means I drew a



1 thickness map of the Leona gravel and -- which is  
2 important.

3 Q Okay. So when you created this isopach map of  
4 the thickness of the Leona gravel, what information did  
5 you use?

6 A I used the new coring data.

7 Q Okay. I'm going to back up a little bit and  
8 make sure I have a good understanding of -- of any  
9 concerns you have regarding the proposed landfill. So  
10 this is a general question: Can you generally describe  
11 for me any concerns that you have as a geologist for  
12 PCCD regarding the proposed landfill?

13 A Well, the main concern is the fact that  
14 adjacent to the berm, the Wilcox is exposed beneath the  
15 reservoir and to the west of the reservoir to a slight  
16 degree, and that is a recharge zone to the Wilcox, a  
17 freshwater area, and it -- that's one concern. That's  
18 the main concern.

19 But concerning why that's a concern is the  
20 fact that if they use the Leona gravel within the  
21 berm -- and there's a considerable amount of gravel  
22 there -- and it is incorporated into the toe of the  
23 berm, then it might induce leachate pathways that could  
24 contaminate the reservoir and the underlying Wilcox.  
25 That's one of the concerns based upon the geology.



1                   Another concern is based upon climate. I  
2 live on a creek and I have lived there for 35 years --  
3 or at least owned it for 35 years. I grew up on a ranch  
4 in Comal County. I'm very familiar with droughts and  
5 rainfall. I have a 20-year-old rainfall station. I  
6 actually have a professional weather station I maintain,  
7 because I write a science and agriculture column for the  
8 local paper, and I put that in every week as to what is  
9 going on.

10                   It's been my opinion and my notation that  
11 we're having hundred-year floods about every five years,  
12 and I think that's due to climate change, definitely due  
13 to something. If you're interested in the floods in  
14 Bandera, there's a diorama right out here, just past the  
15 bookcases --

16           Q       Okay.

17           A       -- and you will see all the floods that have  
18 occurred here, and they're substantial.

19           Q       And your concerns about climate change and the  
20 frequency of hundred-year flood events, can you tell me  
21 how that impacts your concerns related to the proposed  
22 landfill?

23           A       Well, I'll start with a story about D'Hanis,  
24 Texas. In 1935 D'Hanis had more than 24 inches of  
25 rainfall in two hours, and it filled up a water trough.

1 And that happens to be a meteorology course I took at  
2 Texas, one of the many things. And it was a world's  
3 record. In 1979, Alvin, Texas had about 49 inches from  
4 a hurricane. Of course you know about the Wimberley  
5 floods recently. There just seems to be -- since the  
6 1950's, there has been an increase in the frequency of  
7 very high rainfall rates punctuated by drought. And  
8 that seems to be one of the patterns that's developing  
9 in Texas from the global warming and the increase in the  
10 carbon dioxide and methane in the atmosphere.

11 Q And so what I'm wondering is how the impacts  
12 of -- or how the consequences of climate change are  
13 going to --

14 A Well, there's two reasons.

15 Q Okay.

16 A One is -- let's -- I have to project what could  
17 happen to this landfill. Let's say it filled up with  
18 garbage, and the leachate became contaminated and it  
19 would begin to seep through the berm into the -- into  
20 the lake and then, subsequently, into the Wilcox.

21 The other concern is the fact that if you  
22 had a catastrophic rainfall event, say 24 inches in 24  
23 hours or even higher rates, you could have an overflow  
24 of the berm itself. And the leachate would flow over  
25 the berm and out into the lake, and that means it could



1 also contaminate the Wilcox. That's -- in summary  
2 that's most of what could happen. I'm not -- this is  
3 all hypothetical.

4 Q Uh-huh.

5 A But it -- it could be a potential threat. Now,  
6 if the landfill had been sited all within the Navarro  
7 formation away from any -- any waterway, I think that  
8 might have been a better choice.

9 Q What is it about the Navarro formation that  
10 makes it --

11 A The Navarro is an expansive clay, a weathered  
12 ashfall, very thick. It -- it is a clay that -- it's  
13 about 1500 feet thick. It expands when you hit it with  
14 200 -- you know, 200 percent when you hit it with water.  
15 It's called a smectite. And if it's away from any water  
16 course, it's -- it's a much -- better at holding  
17 whatever is dug into it. You know, it's -- and it's not  
18 adjacent to the Wilcox or any other aquifer.

19 So it's probably the -- if you look at the  
20 population increase that's happening in this area,  
21 it's -- it's grown from about 4 million to about 11 and  
22 a half million by 2050. There is a need for landfills,  
23 a great need, unless we just recycle everything, which I  
24 also advocate as much as you can. And I'm -- and I do  
25 that myself. I have a burn barrel for things I can't



1 recycle, but, you know, everything else goes into a  
2 recycling area.

3 But nevertheless, there is a need for  
4 landfills, as there is a great need for water. And  
5 there's not enough freshwater for this area because of  
6 the population growth. But there are ideal pieces of  
7 geology that are very wide and very thick for this area  
8 for landfills, and that is the Navarro formation.

9 Now, the Midway is not an expansive clay.  
10 It's a -- it's a clay all right, but it also contains  
11 silt beds and it contains -- it's really almost a --  
12 there's a thing we use, a term we use in the oil and gas  
13 industry, called Midcox, which means the Midway and the  
14 Wilcox are -- at least the upper part of the Midway --  
15 are one and the same; that you have turbidite deposition  
16 within the upper part -- part of the Midway.  
17 Turbidites are -- are silts and sands that form off the  
18 slope of a deltaic system. Well, that was noted in some  
19 of the recent cores. So that could create,  
20 hypothetically, pathways.

21 Now, I have worked on other landfills, and  
22 I used to teach a course called Environmental Science  
23 and Technology worldwide. I've taught it for 12 years.  
24 And I've also done a lot of Phase 1 and Phase 2s on  
25 different types of contaminated sites, including a

1 landfill -- former landfill. And one of the things that  
2 was noted is the geotechnical textiles -- the  
3 geotextiles do crack and solvents will also devitrify  
4 them, as well as sunlight and inducing cracks,  
5 especially along the edges. And I've seen the same  
6 thing in the oil and gas industry, even though they're  
7 lined. And so that represents potential pathways for  
8 leachate.

9                   So I'm not totally unfamiliar with -- with  
10 landfills or pits, and, you know, that's a concern  
11 adjacent to a -- to a -- an aquifer outcrop.

12           Q       What landfills have you worked on?

13           A       There's one particular landscape in Chambers  
14 County I worked on, which, actually, the pit failed and  
15 the liner failed, and it was a very large plume of  
16 leachate that got into, I guess, the Gulf -- Gulf Coast  
17 aquifer.

18                   Another one I worked on -- this is not  
19 well-known. Galveston used to be a naval nuclear  
20 submarine base, and there was a number of sand pits  
21 around there. The nuclear waste was deposited in the  
22 sand pits as well as other stuff, you know, unlined  
23 pits. And I was -- I did testify in a case as to -- in  
24 that situation. And it wasn't just one sand pit. It  
25 was multiple sand pits. Well, they've stopped -- they



1 stopped putting nuclear waste in the sand pits -- and  
2 this was south of Houston around NASA, between NASA and  
3 Galveston. I don't think this is well-known.

4 It did go to court and I did testify and I  
5 did do drilling in that area in the sand pits, because I  
6 wrote a book, a textbook, on naturally occurring  
7 radioactive material, published by PennWell Publishing,  
8 which is the publishing company that publishes the Oil &  
9 Gas Journal. And so I have some familiarity with  
10 naturally occurring radioactive material.

11 Q And so -- and that's how you got to work on --

12 A Yes.

13 Q -- this trial?

14 A Yes.

15 Q On the Chambers County landfill, what kind of  
16 landfill was that?

17 A What?

18 Q What kind of landfill?

19 A I'd call it illegal landfill. I don't know.  
20 The United States Navy --

21 Q Oh, I'm asking about the Chambers County one.

22 A It was a TCEQ-approved landfill.

23 Q Okay. So --

24 A Originally.

25 Q And it had a liner?



1 A Yes.

2 Q Okay. And so the liner failed and there was --

3 A A plume.

4 Q -- a plume --

5 A Contaminant plume.

6 Q How was that addressed?

7 A Well drilling, monitor wells.

8 Q Okay. And anything else?

9 A No. I actually was hired to map it and look at  
10 all the -- all the monitor wells and did a geochemical  
11 analysis of it.

12 Q So you weren't part of any effort to --

13 A Clean it up?

14 Q Yeah.

15 A No.

16 Q Do you know if it was cleaned up?

17 A I don't know.

18 Q Or maybe just contained?

19 A I don't remember what happened.

20 Q Okay.

21 A It's been a long time ago.

22 Q Okay. So you had some opinions related to the  
23 geology in the area of the reservoir and the proposed  
24 landfill and the soil conditions, but I want to ask you  
25 so that we understand kind of the bigger picture. Can

1 you describe for me the -- your understanding of the  
2 geology in the area of the -- of the reservoir and the  
3 proposed landfill and the basis for your understanding?

4 A I think I just explained that awhile ago in  
5 that there are possible contaminant pathways from the  
6 leachate that could develop within the landfill. And as  
7 a consultant to PCCD, I have to report that to the  
8 Board. Although the Board has taken no side on this.  
9 They are neutral. I think it was -- it was my duty to  
10 tell them that the Wilcox recharge zone was directly  
11 below the reservoir and slightly to the west, and that  
12 is a key factor if any spills did occur or any leachate  
13 contaminant pathways were created.

14 Q That -- yeah, that's my question. And directly  
15 to the west. So do you -- do you have any knowledge  
16 about how far to the west the Wilcox extends?

17 A There is some question about that. The Bureau  
18 of Economic Geology has mapped it. It definitely shows  
19 that on the geologic maps in relationship to the  
20 easement boundary. And then I also looked at some of  
21 the cores for the dam as originally built, and their --  
22 the descriptions are terrible, but they do give some  
23 indication that the Wilcox extends a little bit beyond  
24 what is mapped. Although, without drilling additional  
25 core holes and transects, that would be difficult to



1 prove. I mean, if you're going to describe samples, you  
2 need to describe them with a microscope on site. And  
3 you need to describe every foot, or you need to run very  
4 sophisticated electrical logs -- or both, actually both.  
5 And I've done a lot of that in drilling many wells,  
6 thousands of wells.

7 Q Why is it important to -- or when you're  
8 observing samples, why is it important to observe them  
9 on site and with a microscope and every foot?

10 A Yeah, well, when I do that, I usually -- it's  
11 environmental wells, which is what I've been doing  
12 most -- and water wells. You -- it's important to be  
13 able to pick casing points, to cement off zones that you  
14 don't want to complete in. It's important, for example,  
15 in Class 2 injection wells to pick the tops of  
16 formations such as if you're going to drill into the top  
17 of the Edwards, you need to know where it is and you  
18 can't log it first. You have to log it with -- by  
19 eyesight and knowledge and a microscope.

20 I'm from kind of an old school at The  
21 University of Texas where rocks were a lot more  
22 important than they are today because seismic is more  
23 important today, and computers, and both of them will  
24 tell you lies.

25 (Laughter)



1 Q (BY MS. PERALES) But the rocks speak the  
2 truth?

3 A You can't deny the rocks.

4 Q Okay. And so as a geologist, you would say  
5 that there is information to be gleaned out in the field  
6 from field observations that you can't get otherwise.  
7 Is that --

8 A Absolutely. No question. You want me to give  
9 you an example?

10 Q Sure.

11 A In the ATP UA well that was just recently  
12 drilled in No. TH 1, which is a test well for the  
13 Carrizo production, they had samples. They had thrown  
14 away the samples on the No. 2. And I ran the samples  
15 with a microscope and sieve -- and sieved the analysis  
16 of all the sands and found that the coarse material was  
17 composed of silt, stone pieces as big as your little  
18 fingernail, which was described as coarse grain sand.  
19 Well, that was a mistake. It wasn't coarse grain sand.  
20 It was coarse grain pieces of siltstone that were  
21 impermeable.

22 Well, that makes a big difference when you  
23 calculate transmissivity or hydraulic conductivity.  
24 So -- and it also makes a big difference as to put --  
25 you set a screen size. Well, the screen size in this

1 particular well was set as a very coarse grain screen  
2 size. Well, it happens that most of the sand was very  
3 much finer than that, invaded the well and cut down the  
4 production well. If I hadn't looked at the samples  
5 which the other geologist didn't, I wouldn't know that.

6 Q Uh-huh.

7 A You know, it costs a lot of money. My stuff  
8 didn't cost a lot of money but, you know, the  
9 \$200-a-foot screen did and how you set it and where you  
10 set it. So looking at rocks is extremely important  
11 because geology is a mystery. You've really got to look  
12 at all the things that go into it. You've got  
13 paleontology, lithology, sophisticated logging. You  
14 can't just -- well, if I was Superman it would be all  
15 right, but -- you know X-ray eyes. But otherwise you  
16 have to use all the tools at hand. And that's maybe  
17 just my philosophy, but I have a lot of experience doing  
18 it.

19 Q Okay. So is it also customary when you're out  
20 on site and collecting all of this information, all of  
21 this truth from the rocks, to take notes and record your  
22 observations?

23 A Absolutely. The field books are imperative.

24 Q What about samples? Do you collect samples and  
25 maintain those?



1           A     Yes.

2           Q     And why is it imperative to collect field  
3 notes --

4           A     Field notes?

5           Q     Uh-huh.

6           A     Well, there's no record of what you've done if  
7 you don't. I've been in several depositions where I've  
8 looked up my old field notes from 10, 12, 20 years ago,  
9 and used them as what happened when I was there and what  
10 I described. I also am very careful how I print those  
11 notes, because a lot of field notes are so scribbly you  
12 can't read them. But I believe that field notes and  
13 field books -- and this is one of the things I learned  
14 at The University of Texas in graduate school, that  
15 field notes are very, very important. And I, you know,  
16 have believed in that ever since.

17          Q     So you have field notes from 20 years ago?

18          A     Longer than that.

19          Q     So do you keep them indefinitely?

20          A     Yes.

21          Q     What about samples? How long do you maintain  
22 those?

23          A     I don't keep them indefinitely, but I do keep  
24 a -- I do make lithologic logs and very carefully done  
25 lithologic logs, and I correct the tops by going back to



1 looking at the electrical logs. And I've done that on  
2 many, many wells, water wells and oil and gas wells.

3 Q So, let's see, we have jumped around a bit. I  
4 didn't quite finish up the conversation on the Wilcox.  
5 And you mentioned that there were some -- let me see --  
6 cores from the dam, and I think I have copies of those.

7 MS. PERALES: Can I get this marked?

8 THE REPORTER: As Exhibit 1?

9 MS. PERALES: Yes, Exhibit 1.

10 THE WITNESS: I've looked at this.

11 THE REPORTER: Hold on one second.

12 MS. PERALES: -- consecutive pages?

13 UNIDENTIFIED SPEAKER: Yeah.

14 MS. PERALES: Oh, this is all together.

15 THE WITNESS: This is an original map of  
16 the coring --

17 THE REPORTER: One second.

18 MS. PERALES: One second.

19 MR. ROBERT WILSON: She has to take the  
20 words down or it doesn't count.

21 MR. RYAN: Is there more than one?

22 MS. PERALES: More than one exhibit? Oh,  
23 there are several pages to this one exhibit.

24 (Exhibit No. 1 marked)

25 Q (BY MS. PERALES) So can you take a look at

1 this document and tell me if you recognize it and  
2 whether you can identify it?

3 A Yes, I have looked at it. It's an NRCS  
4 Department of Agriculture coring test across where the  
5 dam was going to be constructed. I think it's -- I  
6 think its the same one. But I did look at it. Yes,  
7 it's the same one. And, by the way, the descriptions  
8 are terrible.

9 (Laughter)

10 Q (BY MS. PERALES) So is this what you were  
11 referring to earlier when you talked about the cores  
12 from the dam --

13 A The Wilcox being -- extending a little bit?  
14 Yes. And particularly the northern part, which is this  
15 area (indicating). Because right at the dam itself  
16 there's three different -- the three different exposures  
17 below the cutoff trench, and that is the Wilcox, the  
18 Midway and the Leona, all three. The dam was built over  
19 all three units. And, of course, the Leona is also a  
20 permeable section, as well as the Wilcox. The Midway is  
21 much less permeable -- impermeable. And I recently  
22 finished mapping this area, which will be presented next  
23 month at the board meeting.

24 But when you get back up into the  
25 reservoir, all of it is Wilcox. But right at the dam



1     itself there's three different formations.

2           Q     Okay. And, let's see -- and that's reflected  
3     in these -- in this Exhibit 1?

4           A     Yes -- I can't remember now. It's been some  
5     time since I looked at it. There's sand described in  
6     some of the -- in some of the -- I remember looking at  
7     it and thinking that I had to go to this northern area  
8     to where I thought the Wilcox might be exposed, a little  
9     bit further to the west, rather than the dam itself. I  
10    don't know. I think this is a -- this a spillway that  
11    should be over here, but it's up here.

12          Q     Okay.

13          A     At any rate, I had to look at some -- some of  
14    these wells. I recall thinking that out -- you know,  
15    not in the dam but out just a little bit to the north of  
16    the dam on one of these transects. This one could be --  
17    possibly be an exposure to the Wilcox. Well, if you  
18    look at the map published by the Bureau of Economic  
19    Geology at The University of Texas, which I used to work  
20    for as a graduate student -- I mean, there's no question  
21    that the Wilcox is there. But the -- the descriptions  
22    were extremely poor.

23          Q     Uh-huh.

24          A     Done by who knows what -- not a geologist I  
25    hope. So there's just a hint of this situation, but I



1 certainly couldn't stand up and holler about it.

2 Q Okay. You couldn't holler about the extent of  
3 the presence of the Wilcox? Is that -- what?

4 A Oh, yes, I can say that the mapping that the  
5 Bureau of Economic Geology has done is correct --

6 Q Okay.

7 A -- except for the -- except for the possibility  
8 that it's extending a little bit, maybe a hundred feet,  
9 something like that, to the -- to the west.

10 Q Okay.

11 A But I wouldn't put any credence in these  
12 descriptions to any real degree. I don't like -- I  
13 don't like the way they described it or the -- it's not  
14 described in great enough detail.

15 Q Okay.

16 A I mean, you know, the S gas and the T and  
17 S-I-G -- I mean, I guess it's sand or -- there's gypsum  
18 I recognize; there's gravel, very coarse gravel you see  
19 on 164851, 852. That's correct. Once it -- well,  
20 that's the Leona.

21 Q So did you say that the gravel indications  
22 appear to be correct?

23 A I don't really know.

24 Q Okay.

25 A I mean, this is -- this is before my time.

1 1961, that's when I started as a geologist with Texaco.

2 Q Okay. Do you -- can you take a look at the --  
3 at the note here that starts with the soil  
4 classifications shown on this sheet?

5 A It says the operation geologist looked at it.  
6 They're not always -- in not all the cases do they agree  
7 with the classification submitted by the soil mechanics  
8 laboratory, which is not unusual.

9 Q Okay.

10 A Because, you know, soil classifications are  
11 called unified soil classifications in engineering. But  
12 in sedimentology or in sedimentation, you have a  
13 different classification scheme.

14 Q Okay.

15 A The unified soil classification is based upon  
16 strength of material, while a geological description  
17 would be based upon the lithology itself and what the  
18 environment of deposition was. Well, this is probably a  
19 unified soil classification effort.

20 Q And so how is that -- how is that different?  
21 How would that reveal --

22 A Well, you're describing -- you're describing a  
23 soil that -- and that's not really a soil. It's a  
24 substrate, but they call it soil, everything from there  
25 to the center of the earth -- engineers do, but that's

1 not the case. It's primarily -- you have to actually  
2 take a penetrometer and push it into the core and see  
3 what it reads, and that means how strong is the soil?  
4 What will it support? Will it support a dam or will it  
5 support a foundation, something like that. Well,  
6 geologists don't care about that.

7 Q Okay.

8 A They care about the lithology itself and the  
9 details of lithology and what type of depositional  
10 environment that it was laid down.

11 Q I see. And you -- and how does the geologist  
12 then determine the classification of the soils or --

13 A Well, if I was there, I'd have a table sitting  
14 out there or a trailer with a microscope --

15 Q Uh-huh.

16 A -- and look at every foot.

17 Q As you described earlier?

18 A Yes.

19 Q Now, you mentioned that there's also Leona  
20 present or the Leona is exposed.

21 A Well, they describe gravel here.

22 Q Uh-huh.

23 A Very coarse.

24 Q And is that consistent with your  
25 understanding --



1           A       Yes.

2           Q       So can you tell me about the Leona?

3           A       The Leona is a Pleistocene-Pliocene, very high,  
4 high rainfall flooding event that washed away all the  
5 limestone, dissolved it where it came off the Texas Hill  
6 Country. And it's very extensive. I would imagine that  
7 we have over a hundred inches of rainfall a year to  
8 deposit those very high energy, very -- very high -- big  
9 cobbles. And what that energy was, the Balcones Fault  
10 system was uplifted and the huge amount of flooding  
11 during the Pleistocene-Pliocene but mostly  
12 Pleistocene -- we had enormous amounts of rainfall. And  
13 the rainfall has deposited a lot of this gravel. In  
14 fact, I live on a creek where the gravel is present,  
15 although it's present without the chert -- this is all  
16 chert -- which means that the limestone is completely  
17 dissolved out by the time it gets to this point, and  
18 it's a chert pebble conglomerate. It's very large, very  
19 coarse grain material.

20                       Now, the weathering profile of what's  
21 called a chernozem soil has incorporated some of this  
22 Leona with it. In other places it hasn't, so the soil  
23 itself is -- even though it's a chernozem soil, which is  
24 a black, organic soil, incorporates the Leona gravel  
25 within the -- within the soil itself.

1                   So sometimes the soil is not described as  
2 Leona, but it is Leona. And it's been described by the  
3 Bureau of Economic Geology as Leona.

4           Q     Because of the presence of the Leona gravel?

5           A     Yes.

6           Q     And what is -- what is your understanding of  
7 the presence and the extent of the Leona in the area of  
8 the reservoir and the --

9           A     Well isopaching the latest core is -- it  
10 extends to the west a little more than what's been  
11 mapped by the Bureau of Economic Geology. I think it  
12 was a number -- I don't know which one was the most  
13 northwesterly one core. I can't remember what it was,  
14 but it had Leona in it.

15                   As I understand it, Leona was not  
16 described in the original report.

17           Q     And the basis for your understanding of the  
18 extent of the Leona that is --

19           A     It's based upon the cores.

20           Q     Okay.

21           A     The most recent cores, and the description that  
22 was submitted to me, because I wasn't there.

23           Q     Right. So have you had any site visits to the  
24 area of the proposed landfill?

25           A     No.

1 Q Okay.

2 A I have recommended drilling two additional core  
3 holes --

4 Q And where would you --

5 A -- within the easement.

6 Q Okay. Within the easement? And the purpose of  
7 that would be?

8 A To define the Wilcox. And two is the minimum.  
9 There are some oil and gas wells to the north, and they  
10 also indicated the presence of the Wilcox despite the  
11 fact that most -- most of it was cased off. And I  
12 furnished those to you, those logs.

13 MS. PERALES: Okay. Can we take a short  
14 break?

15 THE VIDEOGRAPHER: The time is 11:35 a.m.  
16 We're off the record.

17 (Recess: 11:35 a.m. to 11:42 a.m.)

18 THE VIDEOGRAPHER: The time is 11:42 a.m.  
19 We're back on the record.

20 MS. PERALES: Can I get this one marked?

21 THE REPORTER: And that will be 2.  
22 Correct?

23 MS. PERALES: 2.

24 (Exhibit No. 2 marked)

25 Q (BY MS. PERALES) So, Mr. Wilson, do you



1 recognize the document that's been handed to you and  
2 marked as Exhibit 2?

3 A Yes.

4 Q And what is this document?

5 A It's a surface geologic map of the reservoir --  
6 reservoir overlying the Wilcox and the isopach of the  
7 Leona within the footprint of the proposed landfill.

8 MR. RYAN: Excuse me just for a second.  
9 Bob, is that among the stuff that y'all --

10 MR. ROBERT WILSON: I think it must be.

11 THE WITNESS: What?

12 MR. ROBERT WILSON: I think it is, but  
13 I'm -- I can't -- I don't know if it's --

14 UNIDENTIFIED SPEAKER: That's NRCS.  
15 Right?

16 MS. PERALES: Yes.

17 MR. ROBERT WILSON: It's something  
18 we prepared. I know that. So why don't you show it to  
19 him, because this is something that --

20 THE WITNESS: Oh, I prepared from the last  
21 cores -- the last cores to --

22 MR. RYAN: Oh, so you haven't produced it  
23 to us in discovery if it's that new.

24 (Simultaneous discussion)

25 MR. RYAN: You haven't given us anything

1 in months.

2 THE WITNESS: Actually, I think I -- I  
3 think I gave this to Marisa the last meeting we had last  
4 week or something, didn't I? Yeah. I'm not sure. I've  
5 had it -- actually, we did -- this was sent to somebody,  
6 emailed to --

7 MR. ROBERT WILSON: Daniel emailed it to  
8 somebody, but I don't know who he emailed it to. I  
9 don't know who all he emailed it to. My apologies if --

10 MR. RYAN: No, that's okay.

11 MR. ROBERT WILSON: -- didn't have it --

12 THE WITNESS: You see the --

13 MR. ROBERT WILSON: -- but this is  
14 something that Feather prepared himself --

15 MR. RYAN: Right.

16 MR. ROBERT WILSON: -- based upon --

17 THE WITNESS: You see the Goliad 1, 2 and  
18 3 King and the Goliad Hunter-King? Well, everything but  
19 the Hunter-King actually -- 700-foot of casing through  
20 the Wilcox, but you can see the beginning of the Wilcox  
21 as the curves begin to show up as Wilcox in three other  
22 wells. The third -- the fourth well is -- casing was  
23 set too deep.

24 You can notice that on the other side, the  
25 west side of the reservoir, there's a Wilcox outcrop

1 that had been mapped by the Bureau of Economic Geology.  
2 And then to the north it's covered by -- by quaternary  
3 alluvium, which is really not very thick. But below  
4 that -- Goliad at 3-King appeared to have about a  
5 hundred feet of Wilcox.

6                   So the Wilcox underlies most of the  
7 reservoir itself. It's adjacent to the footprint of  
8 the -- of the berm -- I think where the berm is going to  
9 be put. I'm not sure. But if you -- but the toe of the  
10 berm is also critical because of the Leona. Now, if you  
11 remove all of that Leona and shove it off to the west or  
12 truck it off, that's going to be extremely expensive to  
13 do, extremely expensive.

14                   And that's why --

15           Q       (BY MS. PERALES) Is that necessary?

16           A       Huh?

17           Q       Do you think it's necessary though to remove  
18 all of the Leona?

19           A       To re-ensure the integrity of the berm, yes, I  
20 do.

21           Q       Let me back up a little. I had asked if you  
22 could identify Exhibit 2, and I think that you were  
23 interrupted. So could you tell us what Exhibit No. 2  
24 is?

25           A       It's a geologic map.



1 Q All right. Did you prepare this?

2 A Yes.

3 Q What information did you use to prepare this?

4 A Bureau of Economic Geology GIS files.

5 Q And do you --

6 A And the isopach, though, is from the cores  
7 themselves.

8 Q Okay. Great. And when you say "from the cores  
9 themselves," you're talking about the information that  
10 was produced related to the borings that were --

11 A Second -- second go-around.

12 Q The second go-around.

13 And you also mentioned the -- the Goliad  
14 King wells. So were you looking at information related  
15 to those wells?

16 A Yes. You have the logs.

17 Q Uh-huh. And those logs formed part of the  
18 basis for the preparation of this document?

19 A Excuse me?

20 Q Did those logs -- were those also part of the  
21 basis for the creation of this document, of Exhibit 2?

22 A Well --

23 Q Well, the location of --

24 A The location, yes, is correct. Goliad  
25 Hunter-King though is not -- is not part of the analysis

1 because there was -- there was too much casing set.

2 Q Uh-huh.

3 A And if you'll notice, I also recommend two more  
4 drill sites within the reservoir itself. Well, in order  
5 to verify the sands within the Wilcox, I think those  
6 locations were necessary.

7 Q And those are the ones that are marked with  
8 drill site and then a question mark?

9 A Yes. See drill site with a question mark? In  
10 fact, I would prefer more of those, but, you know, I  
11 recommended two for -- because the PCCD -- you know, EPA  
12 usually goes after the -- for cleanup after the owner or  
13 responsible person and, you know, PCCD could end up as a  
14 responsible party. So we need a baseline. You know, a  
15 base -- a geochemical baseline as well as  
16 sedimentological baseline, and we don't really have one.

17 Q When you say "responsible party," you mean if  
18 the landfill were to fail, the liner were to fail --

19 A Or there was -- there was a leachate -- you  
20 know, contaminant pathway or something like that as I  
21 described before. I believe that it would be the  
22 responsibility of the operator to drill those holes in  
23 order to preserve a baseline for themselves. Because if  
24 they don't have one, they're liable to become a  
25 responsible party since this is an option on the land



1 that they're going to purchase. CERCLA, I think, if it  
2 becomes -- it would become involved and I believe that's  
3 CERCLA's -- they go out after the -- they go after  
4 the -- first the operator. And then if the operator is  
5 not around or has no money, they go after the landowner.  
6 And in this case, since PCCD controls this area with an  
7 easement, which is the dominant -- is that right, Bob --  
8 it's the dominant piece of real estate? They would  
9 become a responsible party.

10 Q That's your concern. Right?

11 A Huh?

12 Q That's your concern is that the PCCD could  
13 become the responsible party, and that's why you would  
14 like --

15 A Yes, they could, you know, potential for that.  
16 You know -- I mean, there may be other parties involved,  
17 but because they own -- they have the easement and the  
18 easement is the dominant piece of real estate -- is that  
19 right, Bob --

20 MR. ROBERT WILSON: It's callid the  
21 dominant estate.

22 A -- dominant estate, then they could become the  
23 responsible party for cleanup.

24 Well, in order for the -- but you have to  
25 have a baseline. In other words, we would have to right



1 now -- or the operators would -- go in and take sediment  
2 samples and water samples and -- with transects in order  
3 to establish that baseline, because there already could  
4 be contaminants in there. We know what -- we'd know  
5 what they are.

6 And so I think that would be a very  
7 important step and prudent step for the operator. You  
8 know, it costs a lot of money, but --

9 Q Right. So going back to Exhibit 2, so that the  
10 record is clear, can you describe -- first, can you  
11 describe what the red line is intended to convey?

12 A The red lines, these are ownership lines. The  
13 owner -- these are parcels, county parcel map.

14 Q Okay.

15 A And I'm not sure -- I think -- I'm not sure how  
16 far the parcels go with the land that's owned by this  
17 lady, I guess, but -- so it's just a parcel map.

18 Q Okay. And the area that's shaded in kind of a  
19 speckled yellow, what is --

20 A That's the Leona.

21 Q That's the Leona? Okay.

22 A Uh-huh.

23 Q The area in blue?

24 A That's the reservoir.

25 Q And then the --

1           A       Approximate easement of the reservoir.

2           Q       Okay. And then the area that's kind of an  
3 orange color --

4           A       That's the Wilcox.

5           Q       -- that's the Wilcox. Okay.

6           A       And the -- the area to the west says EMI. You  
7 see that little EMI? That's the Midway.

8           Q       Okay.

9           A       And then the small yellow -- actually, the  
10 yellow is very similar to -- that's not just -- that  
11 could be Midway, but it's probably alluvial material,  
12 which would be above the Leona, which is recent alluvial  
13 material.

14          Q       And where is that?

15          A       That's up where the Goliad -- Goliad No.  
16 3-King --

17          Q       Uh-huh.

18          A       -- I don't -- I believe that's not Midway.  
19 That's quaternary alluvium. I'd have to go back and  
20 check my maps though. This is a GIS map that I maintain  
21 over a big area.

22          Q       Okay.

23          A       My purpose of making this map was the isopach  
24 of the Leona.

25                   MS. PERALES: Can I get this marked as No.

1 3, please?

2 (Exhibit No. 3 marked)

3 MR. RYAN: Are there three different --  
4 are there three things here?

5 MR. RUBINOV: No, those are -- these are  
6 the same. I'm sorry, I may have just given --

7 (Simultaneous discussion)

8 A Is this the only log you're going to ask me  
9 about?

10 Q (BY MS. PERALES) It's the first log I'm going  
11 to ask you about.

12 (Laughter)

13 Q (BY MS. PERALES) So can you identify this  
14 document that I've handed you?

15 A This is the Goliad No. 3-King geophysical log.

16 Q And so the Goliad King -- 3-King geophysical  
17 log, does this correspond to the -- what's been marked  
18 as Goliad 3-King on Exhibit 2?

19 A Yes.

20 Q So that's -- the log is from that location  
21 that's shown on the map?

22 A Yes.

23 Q And what is it about this log that was  
24 significant to you?

25 A Well, there's two things about it. Look at the



1 base, say one inch equals 100 scale right below the  
2 lines where it says "redistributed conductivity and  
3 spontaneous potential." Do you notice that the  
4 resistivity curves on the right-hand side of the log  
5 actually begin to move to the -- to the right? Do you  
6 see that, moving up like that?

7 Q Uh-huh.

8 A Well, that's due to the fact that this is near  
9 the base of the Wilcox. And once you get up into the  
10 Wilcox, you start seeing more sand. But because of the  
11 sand, the Railroad Commission wants you to case off  
12 productive water sands, so that's what they did here.

13 Now, looking at down the hole --

14 Q So can I just finish that thought so I'm sure I  
15 understand what you're saying? So you see some sand  
16 near the top, and then it's cased below that?

17 A Well, you don't -- the sand is cased off.

18 Q Okay.

19 A But there's indication from the way the curves  
20 are shaped to where there's more resistivity and not  
21 less resistivity. That's an indicative of the base of  
22 the Wilcox.

23 Q I see. Okay. And you were going to say  
24 something else?

25 A Huh?

1 Q Were you going to say something else --

2 A No.

3 Q -- with regard to their log?

4 A I just work here.

5 Q Okay.

6 (Laughter)

7 Q (BY MS. PERALES) Okay.

8 (Exhibit No. 4 marked)

9 A This is the Goliad No. 2.

10 Q (BY MS. PERALES) So this is Exhibit 4. And  
11 Exhibit 4, what is -- what is this document?

12 A Its another geophysical log of the Goliad No.  
13 2-King -- yes.

14 Q And this log, does it correspond to the  
15 location that's identified as Goliad 2-King on Exhibit  
16 2?

17 A Yes.

18 Q And is there anything significant that you  
19 gleaned from this?

20 A Yes. From about 110 feet -- about 110 to 120  
21 feet, you'll notice that the scale on the right-hand  
22 side, resistivity scales, move to the right. Now it  
23 even indicates at the very base of the resistivity and  
24 conductivity labels that that is a sand. Now, when you  
25 look over on the left-hand side, that's called a

1 spontaneous potential, two electrodes, one on the  
2 surface and one downhole. And in freshwater, that curve  
3 is subdued. It really is not indicative -- if you use a  
4 gamma ray curve, you might see that that is a sand. The  
5 sand is indicated on the -- on the resistivity curve,  
6 but on the SP curve, because it's freshwater --

7 Q Uh-huh.

8 A -- it doesn't register -- in other words, it's  
9 not a contrast between saline water and freshwater.  
10 This is all freshwater.

11 So looking down the hole, let's go to  
12 1800 feet and look at the SP down at 1800 feet. You can  
13 see it's quite pronounced. Right?

14 Q Yes.

15 A Well, that pronunciation is due to saline  
16 water.

17 Q Okay.

18 A And you come back up and you look on the  
19 right-hand side, you'll see that that is a very low  
20 resistivity, very porous section. As you go up the  
21 hole, you start losing resistivity, but that's probably  
22 due to other lithology such as chalk, because that's the  
23 top of the Edwards.

24 And the Midway is exposed down to -- I  
25 would say the top of the Navarro is at 720, 720.



1 Navarro is -- you could look at the curve of the SP  
2 curve, and you can see the -- the SP curve in the Midway  
3 is more serrated than it is in the Navarro. Notice  
4 that? You know what I mean by --

5 Q If I look at what --

6 A The SP curve over on this side.

7 Q Uh-huh.

8 A That serration is due to incorporated silt.

9 Q Okay.

10 A While the Navarro is more of a pure weathered  
11 volcanic ash from Mexico, Eocene, about 40 million years  
12 old. It doesn't say that on the log though.

13 Q Okay. Yeah.

14 (Laughter)

15 A How many logs do you have? I think only had  
16 three.

17 Q (BY MS. PERALES) Okay. I only have one more.

18 (Exhibit No. 5 marked)

19 A Goliad King No. 1 -- or Goliad No. 1 -- King.

20 Q (BY MS. PERALES) So Exhibit 5 you said that  
21 was the log for the Goliad 1-King. Is that right?

22 A This particular log really is almost -- it's a  
23 200 feet -- I mean, the casing was set at 170. So this  
24 is entirely within the Midway. But notice -- notice now  
25 down around 700, 800 some of these serrations?

1 Q Uh-huh.

2 A Those are silts and -- silty -- clay silts.  
3 So -- and these -- notice these spikes on the right-hand  
4 side --

5 Q Uh-huh.

6 A -- of the resistivity? Those are silt zones  
7 that are, like, 2 inches thick, but you can't -- you  
8 can't see them. You can on new logs. We have 2-inch  
9 electrodes on new logs. But these logs were -- when  
10 were they taken? 1994. That's old.

11 Q Okay.

12 A I mean, there are hints that -- that what the  
13 core showed in the Midway with silt zones are also shown  
14 on -- at least the resistivity side of these logs --  
15 that they verify the silt, which I don't -- it to me is  
16 not significant anyway, but --

17 Q Uh-huh.

18 A -- as far as contaminant pathway.

19 Q Okay.

20 A I'm just saying that the cores do verify what  
21 the logs show.

22 Now if I had -- if I hadn't had 56 years  
23 of experience, I probably wouldn't notice.

24 (Laughter)

25 Q (BY MS. PERALES) Okay. So -- and just so

1 we're clear, there's a Goliad 1-Hunter-King and a Goliad  
2 1-King on Exhibit 2, and we were looking at Goliad  
3 1-King. Is that right?

4 A Yes, and there's a Goliad numbered Hunter-King,  
5 and it's all -- I don't think you have it.

6 Q I don't think I do.

7 A And, see, it was set -- the casing was too deep  
8 to look at the Wilcox -- any indication of the Wilcox.

9 Q Okay.

10 A That's another reason I want -- I'd like to see  
11 some core holes drilled within the area where the  
12 reservoir is usually dry. I think that's very important  
13 for the baseline, for the geochemical baseline, and the  
14 lithologic baseline. But nobody has offered to pay for  
15 them, and I'm not going to pay for them.

16 Q Are you aware of any historical gravel mining  
17 that's occurred within or near the proposed landfill  
18 facility?

19 A In the Leona?

20 Q Uh-huh.

21 A Yes, there are gravel pits in Lockhart, near  
22 Lockhart.

23 Q Okay. What about near the proposed landfill?  
24 Do you know of any gravel mining that's occurred there?

25 A No. The landfills I'm associated -- know about



1 is the BFI and Waste Management.

2 Q I'm talking about this -- this proposed  
3 landfill.

4 A This one? No.

5 Q Okay. So the gravel mining that you're aware  
6 of is near Lockhart. Is that right?

7 A Yes. The Leona -- this is an isolated portion  
8 of the Leona. When you go over to the southwest, the  
9 Leona is a huge area. It goes all the way from the  
10 Balcones Fault system down to Lockhart, continuous. And  
11 it is an aquifer, and it's polluted by nitrates from  
12 fertilizer. So you don't want to drink the water from  
13 Leona -- or especially babies.

14 But the Leona is a significant aquifer  
15 all -- from Hondo which is just south of here, all the  
16 way to this area. And in the Hondo area the Leona is --  
17 is saturated with water from produced Edwards water, and  
18 it's now become a major aquifer because of that. So  
19 it's a real interesting formation.

20 Oh, I didn't make this -- I didn't make  
21 the Bureau map.

22 Q Right.

23 A Even though I worked for the Bureau and mapped  
24 some, I didn't make this map.

25 Q Okay. So we've talked about your concerns

1 related to -- to the risks of contamination that might  
2 come through the landfill --

3 A Assuming the Leona is incorporated into the  
4 berm.

5 Q Because the Leona would be -- the Leona is  
6 what's present at the site. Is that right?

7 A It -- it could potentially create pathways,  
8 contaminate pathways, particularly if you're going to  
9 put it into a berm. The first thing you're going to do  
10 is push the top over first. That means it's going to be  
11 at the base of the toe of the berm. Above that there's  
12 going to be clay. So the base of the berm is far more  
13 contaminant sensitive --

14 Q Uh-huh.

15 A -- than the top of the berm, unless the berm  
16 gives way, you know, a catastrophic rainfall event.

17 Q Uh-huh.

18 A So the Leona itself, if it -- under ideal  
19 conditions and I was in charge of the world, I would  
20 completely remove it before it gets to be placed in the  
21 berm.

22 Q And just to be clear, is Reservoir 21 -- is  
23 that downhill from the proposed landfill?

24 A Which one?

25 Q Reservoir -- the Reservoir 21, is that downhill

1 from the proposed landfill?

2 A Yes, it's very -- very close to where the berm,  
3 I think, is going to be built. But I don't -- you know,  
4 I'm not the expert on where the berm is going to be  
5 placed. But I understand -- I think from one of your  
6 experts -- that the toe of the berm would almost contact  
7 or be in contact with our easement.

8 MR. ROBERT WILSON: If they build it,  
9 we'll find out.

10 (Laughter)

11 A That's a good point.

12 Q (BY MS. PERALES) Thank you.

13 A You know, the hogs, the rodents, the smell,  
14 none of that is of concern to me.

15 (Laughter)

16 A The only concern I have is the geology.

17 Q (BY MS. PERALES) Okay.

18 A The esthetics...

19 Q And you've talked about the suitability or  
20 unsuitability of the soils and how the Navarro would  
21 present a much more suitable --

22 A Absolutely --

23 Q -- location?

24 A -- no question.

25 Q So related to the -- so -- so my takeaway is



1 that the proposed location is not a suitable location  
2 for the site because of the various sediments and the  
3 geology?

4 A I made the statement long ago that it's not the  
5 best site for -- for a landfill because of its proximity  
6 to the outcrop of the Carrizo -- I mean of the Wilcox,  
7 and -- and the fact that it's overlain by Leona.

8 Q Okay.

9 A You know, if it was totally within the Navarro,  
10 not adjacent to a lake or a -- a watercourse, major  
11 watercourse, I mean that -- that would be the more ideal  
12 piece of real estate to go after in deference to this  
13 one.

14 Q And that -- one of my questions was so the  
15 presence of the reservoir, that's also a factor  
16 regarding the suitability or unsuitability of this  
17 proposed landfill?

18 A Yes.

19 Q What about the -- what about the condition of  
20 the dam and the fact that it's a high-hazard dam. Does  
21 that -- does that factor into your opinion as well?

22 A Well, if you make the assumption that it  
23 becomes polluted and the dam fails, washes down into  
24 people's yards, that might not be too -- too fun for  
25 them. You know, all this is hypothetical, but --

1 Q Uh-huh.

2 A -- you know...

3 Q So I want to go back to some of the areas that  
4 I didn't finish asking you about. And one of them was  
5 what kind of work were you doing in South America last  
6 year?

7 A I was working on a petroleum concession in  
8 Paraguay, but I went to Columbia because of the --  
9 that's where the office was. And this was all Paraguay  
10 and a portion of Bolivia and a portion of Argentina and  
11 a portion of Uruguay and a portion of Brazil, because  
12 the entire country was -- was -- I've been looking at  
13 the entire country as a prospect for a British firm  
14 to -- to actually enter that exploration arena in search  
15 of an Devonian shale play, which is a -- similar to the  
16 shale play of Eagle Ford and Bakken and the Barnett.

17 Q Uh-huh.

18 A It's all the same shale. And these were giant  
19 fjords out in front of the sub-Andean fold belt that  
20 were 11,000 feet thick of petroliferous shale. The  
21 British firm wasn't very well funded. They did pay me,  
22 but to be able to do something like this, the first well  
23 would cost \$23 million and they already had 40 million  
24 in it. So they decided not to do this. And I was hired  
25 to evaluate it.



1 Q Okay. And so what did you do as part of your  
2 evaluation?

3 A I looked at all the available geology plus all  
4 the wells that had been drilled in that area and made  
5 maps and isopach maps and et cetera, just a general  
6 petroleum exploratory overview.

7 Q Okay. And is that typically the first step  
8 in -- in analyzing --

9 A Yes.

10 Q -- or characterizing the subsurface?

11 A I have mostly been involved in my career in  
12 what's called frontier exploration, which means outside  
13 the -- really the purview of -- of development. I'm not  
14 a development geologist. I'm an exploratory, frontier  
15 exploration geologist, at least in the oil industry.

16 Q Uh-huh. So when you talk about the frontier  
17 geology, would it be fair for me to say that what you're  
18 doing is you're collecting the available data to create  
19 a conceptual model?

20 A Yes.

21 Q And then if you had moved forward, then that's  
22 when you would be out on the site looking at soils  
23 and --

24 A If they drill a well, yes.

25 Q Okay. And that's how you would prove up your



1 conceptual model?

2 A Well, in this case of Paraguay or Bolivia or  
3 some of those places, I probably would allow somebody  
4 else to do that --

5 Q Uh-huh.

6 A -- under my supervision.

7 Q Okay.

[REDACTED]

[REDACTED]

[REDACTED]



[REDACTED]

[REDACTED]

[REDACTED]

10 Q I was going to say, I'm going to have to bring  
11 us back to something more boring.

12 Let's see. So I understand your concerns  
13 related to the reservoir and the Wilcox, can you tell  
14 me -- the Wilcox, is it a sole-source aquifer?

15 A Well, you can consider that for the county  
16 because it is the only aquifer that PCCD -- that's a  
17 freshwater aquifer except for the alluvium, which is  
18 very minor, for the county -- or PCCD anyway.

19 Q Okay. So I gathered from your testimony  
20 that -- that geotextiles, the liners, they do crack?

21 A Uh-huh.

22 Q What is the basis for your -- that information?

23 A Just observation. But if you want to go on the  
24 Internet and put in cracked liners or -- you'll find  
25 pictures of them, and there are a lot of pictures of how



1 liners fail, especially around the edges of the liners.  
2 They rip.

3 Q Uh-huh.

4 A They can devitrify from sunlight. They can  
5 devitrify from solvents.

6 Q Solvents that you would find in solid waste?

7 A In paints and things like that. It's --  
8 solvents are an unknown contamination problem for  
9 liners, as well as clays. It will actually dry up the  
10 clays.

11 Q You also talk about how you've maintained your  
12 field notes for, well, indefinitely. I don't have --  
13 let's see, I don't have a clear understanding of how  
14 long you maintain samples that you've collected.

15 A Oh, as long as there's any question about them.

16 Q So if you were involved in litigation and you  
17 had collected soils samples related to that litigation,  
18 would you maintain the samples at least through the end  
19 of the litigation?

20 A They'd be sitting in my barn.

21 Q Okay. And why is that? What is the --

22 A Well, they're evidence. It's evidence. It  
23 would be unethical for me to destroy those samples.

24 Q Would you -- would there be any occasion or  
25 reason for you to refer back to those samples as you

1 prepare for your --

2 A Sure.

3 Q Okay. As you prepare for your testimony, you  
4 might go back and look at those?

5 A Yes.

6 MS. PERALES: Okay. I think -- short  
7 break?

8 THE VIDEOGRAPHER: The time is 12:21 p.m.  
9 we're off the record.

10 (Recess: 12:21 p.m. to 12:23 p.m.)

11 THE VIDEOGRAPHER: The time is 12:23 p.m.  
12 We're back on the record.

13 MS. PERALES: So that concludes my  
14 questions for you. I guess I'm not passing the witness;  
15 it's not a deposition. So thank you.

16 THE WITNESS: Thank you.

17 (Laughter)

18 THE VIDEOGRAPHER: Time is 12:24 p.m.  
19 We're off the record.

20

21

22

23

24

25

## C E R T I F I C A T E

STATE OF TEXAS )

COUNTY OF TRAVIS )

I, Lou Ray, Certified Shorthand Reporter  
in and for the State of Texas, do hereby certify  
that the above-mentioned matter occurred as  
hereinbefore set out.

I FURTHER CERTIFY THAT the proceedings of  
such were reported by me or under my supervision,  
later reduced to typewritten form under my  
supervision and control and that the foregoing pages  
are a full, true, and correct transcription of the  
original notes.

IN WITNESS WHEREOF, I have hereunto set my  
hand and seal this 27th day of June, 2016.



LOU RAY  
Certified Shorthand Reporter  
CSR No. 1791 - Expires 12/31/17

Firm Registration No. 276  
Kennedy Reporting Service, Inc.  
555 Round Rock West Drive  
Building E, Suite 202  
Round Rock, TX 78681  
(512) 474-2233






EXHIBIT  
#2  
6-22-16 DA  
PENGAD 800-631-6989